

NASA OFFICE OF PUBLIC AFFAIRS
303 E STREET, S.W.
WASHINGTON, D.C. 20546
(202) 358-1600

"Space Shuttle Program Update on STS-121"

SPEAKERS:

WILLIAM HALE, Manager, Space Shuttle Program
MIKE LEINBACH, NASA Launch Director

[Moderated by Bruce Buckingham, NASA Public Affairs]

3:00 p.m. through 4:00 p.m., EST
Wednesday, May 31, 2006

[TRANSCRIPT PREPARED FROM A NASA TV WEBCAST RECORDING.]

MALLOY TRANSCRIPTION SERVICE
(202) 362-6622

1 P R O C E E D I N G S

2 MR. BUCKINGHAM: Welcome to the Kennedy Space
3 Center for our next Space Shuttle Program Update. We have
4 with us today Wayne Hale, who is the Space Shuttle Program
5 Manager, and Mike Leinbach, who is the NASA Launch
6 Director, and will begin with opening comments from each of
7 these.

8 Wayne?

9 MR. HALE: Well, good afternoon. It's always
10 good to be in Florida, and it's a great day when we can
11 come down to the Kennedy Space Center and see the Space
12 Shuttle sitting on a launch pad.

13 You know, the preparation for a Shuttle launch is
14 an intensely technological thing, but it's also a supremely
15 human thing. We have had so many people work so very long,
16 many long hours to get to this point to have Discovery on
17 the launch pad, thinking about the folks at the Michoud
18 Assembly Facility who have worked extremely hard in very
19 difficult circumstances to provide the external tank and
20 all the folks here in Florida that have assembled the
21 stack, the solid rocket boosters, and on and on and on.
22 Through the mating and the low lap that we had about a week

1 ago, it has just been a great period of time.

2 Today, we gathered at the Kennedy Space Center
3 with a large team from all around the agency of folks
4 supporting the Shuttle Program to do another one of what
5 sometimes seems to be an interminable round of reviews to
6 make sure we're ready to go fly. Today's review was a
7 Debris Verification Review. This review is something which
8 is new with Return to Flight, following the Columbia
9 accident. We feel a very strong need to review how well we
10 have done in eliminating the potential for debris to come
11 off the external tank or any other part of the launch
12 vehicle and cause a hazard during the accident phase of
13 flight.

14 I am pleased to announce that we have gone
15 through that review, and we have found no show-stoppers.
16 We believe we have made significant improvements since last
17 year in the elimination of many of the hazards from foam,
18 but one of the things I don't want to hear when I go home
19 and turn on my TV tonight is that we fixed the tank and no
20 foam is going to come off because that is not the case, and
21 you are going to hear me say this over and over again as we
22 go down to flight. There will continue to be foam come off

1 the external tank.

2 What we have done in a very systematic manner is
3 eliminate the largest hazards. Today, we have a tank on
4 the pad that has lost 34 pounds, the largest amount of foam
5 off the tank that we have ever taken off the tank to reduce
6 the hazard. We have put on a special set of sensors, both
7 accelerometers and force measurements on that tank as well
8 as a suite of six new cameras on the solid rocket boosters
9 that will be monitoring the performance of the vehicle
10 during ascent to ensure that we have done our job properly
11 in the removal of that protuberance airload ramp, the
12 reduction of foam, but we do expect to see foam come off,
13 and particularly as we look today, the next largest source
14 of hazard, the 34 brackets on the outside of the tank that
15 hold the piping on the outside of the tank on are covered
16 with a pound and a half to 2 pounds of foam each for
17 another 30 or so pounds of foam.

18 We know that next on our agenda for following
19 tanks will be the elimination of that foam. We have a team
20 in full court press in the design centers, both back at
21 Marshall Space Flight Center as well as the Michoud, the
22 external tank facility, working toward a design of that

1 bracketry that will allow it to be flown without foam on
2 it, will keep the ice from forming as well, but without
3 that foam, and subsequent to that, we will work on the next
4 area of concern and eliminate systematically, as we go
5 forward in time, the sources of foam coming off the tank.
6 So that the very last tank we fly, I think will be the very
7 safest tank that we will ever fly, one causing the least
8 source of debris.

9 Today in our review, we did come to the
10 conclusion that we have an acceptable risk posture to go
11 fly from the debris standpoint. That is a major milestone.

12 Next week, we will be going to the external tank
13 design certification review, and at that time, we will find
14 out from the structural analysis whether all of the
15 aerodynamic changes have resulted in a situation where the
16 structure will still hold together, as I told you about a
17 week and a half ago. Our preliminary words are good, but
18 we are going to find out the final story next Wednesday at
19 that Design Certification Review, and then in about another
20 10 days following that, back down here on the 16th and 17th
21 of June, we will have the Flight Readiness Review of the
22 final management review of the preparations for the flight

1 of STS-121.

2 We are looking forward to a good flight at the
3 opening of the window on July 1st, and with that, I will
4 hand it over to Mike.

5 MR. LEINBACH: Okay. Thanks, Wayne.

6 Well, as Wayne and his senior managers are going
7 through their interminable reviews, we had to process the
8 hardware here at the Kennedy Space Center, and I can tell
9 you, the hardware processing is going extremely well with
10 the vehicle at the launch pad.

11 Between now and launch on July the 1st, we have
12 almost 2 weeks of contingency in the schedule. As long as
13 I have been in this business, we have never had that amount
14 of contingency, and we built in quite a bit this flow. We
15 were protecting for a tanking test, which we thought we
16 might have to do. It turned out we do not have to do that
17 tanking test. So that fell off our plate and saved us
18 about 5 days or so.

19 So it is an unusual pad flow with the amount of
20 contingency we have. It is an understood pad flow, and so
21 far everything is going really, really well.

22 The crew will be here in about 2 weeks for their

1 terminal countdown demonstration test. That is where we
2 get the crew here, and we get them into the orbiter. It's
3 especially important for them to be here and go through the
4 final preparations for launch. They get suited up and get
5 into the vehicle. It's especially important for the
6 rookies on the team. So we will do that in about 2 weeks,
7 and then we will be ready for picking up launch countdown
8 on the 28th of June.

9 Meanwhile over in the OPF, Orbiter Processing
10 Facility, the Atlantis' processing is going extremely well
11 also, looking for a roll-out of Atlantis on July the 25th.

12 That is on schedule. That would be for the STS-115
13 mission or the Launch on Need should a rescue mission
14 become necessary.

15 So right now, we are in great shape on both
16 vehicles and looking forward to a launch on the 1st.

17 MR. BUCKINGHAM: Okay. Thanks, Mike.

18 Okay. Let's take some questions from Kennedy.
19 Then we will go to other centers that I understand also
20 have questions.

21 So, Bill, you had your hand up, right here,
22 second row.

1 QUESTIONER: Bill Harwood, CBS.

2 For Wayne, I remember last year when you had the
3 DVR, there was this risk matrix and where the foam fell out
4 in terms of probable or unlikely. How did that work out in
5 this one? I heard there was a little bit of discussion
6 about how to characterize ice frost ramp foam. Can you
7 maybe give us a sense of how that stands?

8 MR. HALE: We did go through the review today.
9 We did not baseline the hazard report, which is where you
10 see these little 3-by-4 matrix with the red, yellow, green
11 squares in it.

12 You know, we had a discussion about 2 weeks ago
13 -- it's been longer than that -- 3 weeks ago that we talked
14 about ice frost ramps. We included the Administrator and
15 the Chief Engineer of the agency, Chief Safety Officer of
16 the agency, and went through all the pros and cons. At the
17 final analysis, the agency concurred with my
18 recommendation, which is that we not change those ice frost
19 ramps.

20 We think they are a hazard. I want to make that
21 very clear. They are an area of foam insulation that we
22 very definitely need to deal with. The principle that we

1 have to remember, however, is that in a flight test, you
2 want to make one major change at a time, instrument it, fly
3 it, and see how that performs before you make another major
4 change.

5 So we are going to fly this flight with a major
6 improvement, the elimination of the PAL ramp, but we know
7 that we have another hazard that we also need to eliminate,
8 and that will be the elimination of the ice frost ramps as
9 quickly as we can come up with a good design option that
10 will eliminate that hazard.

11 So we put them right at the top of our risk
12 matrix. That's the number-one thing that we have to work
13 on next. We have a whole list. I wish I had a count of a
14 lower risk, but still areas on the tank that we want to
15 continue work on, and we tried to characterize all of those
16 things over the last 2 days and put them in the right place
17 in the hazard matrix.

18 QUESTIONER: It is not a probability?

19 MR. HALE: Well, you know, it's an interesting
20 thing. We had -- I wish I had of taken probability in
21 college.

22 We have discussed probability more in the last 48

1 hours than I ever really wanted to, and the bottom thing
2 that you come to with probabilities, what were your
3 assumptions.

4 We looked at the flight history, and if you look
5 at the flight history, we probably don't have much risk.
6 We looked at the causes for the so-called thermal crack
7 cause for foam loss, which caused that big piece of foam to
8 come off the PAL ramp on STS-114, and we tried to apply
9 that to the ice frost ramps. We don't see nearly as many
10 losses of the ice frost ramps from our flight history as
11 the empirical or physics-based model would indicate.

12 So you run all these things together. You try to
13 decide how many releases there may be on a flight, and you
14 come up with different numbers based on different
15 assumptions.

16 Basically, this vehicle -- and you can take this
17 to the bank -- is about a one-in-a-hundred vehicle. Okay?

18 That's not a scientific number. If you want a scientific
19 number, it's probably a little different than that, but,
20 you know, it is a risky vehicle to fly, and nobody should
21 mistake that. There are a number of things that can cause
22 bad outcomes on this vehicle.

1 What we have tried to do is take a very serious
2 look at every one of the areas that we think are high risk
3 and do our best to mitigate those and reduce the risk.

4 So did that answer your question, or did I just

5 --

6 QUESTIONER: You totally converted it.

7 MR. HALE: Okay.

8 [Laughter.]

9 MR. BUCKINGHAM: All right. Let's go to Mike
10 Cabbage.

11 QUESTIONER: Mike Cabbage with the Orlando
12 Sentinel for Wayne.

13 Is the DVR going to be a standard thing from
14 every Shuttle launch from here on out, and when did you
15 come up with the idea of doing a DVR for this mission? Was
16 it after the shedding that you saw on Discovery last July,
17 or is this something new? Is this going to happen from
18 here on out?

19 MR. HALE: You know, I think we are probably
20 going to have Debris Verification Reviews periodically. I
21 don't know whether we will do them on a per-mission basis.

22 Obviously, following the loss of Columbia from

1 debris, we needed to have a review before STS-114 on how
2 well we had done.

3 Since on our first flight, the STS-114, we had
4 another unexpected foam loss, we felt the compelling need
5 to have another review to see if we had improved ourselves
6 adequately to launch this time.

7 We have a number of things that we want to
8 improve in the future. Based on what performance we see
9 out of STS-121, we may or may not have a Debris
10 Verification Review before the next flight, which after all
11 comes only about 8 weeks, a little less, later, but we
12 certainly will have a Debris Verification Review when we
13 make the next big change, which will be the ice frost
14 ramps.

15 So we will have them periodically, but probably
16 not every flight.

17 QUESTIONER: I have a follow-up question to that.

18 Looking at the schedule and the way it is unfolding right
19 now, what is your best guess on when you guys might be
20 ready to fly modified ice frost ramp?

21 MR. HALE: I'm going to hear a story on that in
22 the next few days. The next tank that is coming out from

1 the factory from Michoud is also coming with unmodified ice
2 frost ramps because currently we don't have a good
3 redesign. The folks are working on that. Whether we can
4 get that on the third tank or the fourth tank is probably
5 the real question, and we are looking very hard to getting
6 a design into the wind tunnels that we can verify will not
7 shed additional pieces or cause other problems.

8 We have got a series of thermal tests to show
9 that whatever modifications we do will not grow ice which,
10 by the way, is why they have that foam insulation on them.

11 We probably are going to have an interim solution
12 based on what I have seen with some insulators in between
13 the upper and lower parts of the bracketry followed by a
14 final solution, we think, and again, this is the early
15 thoughts of the design team. A final solution may be in
16 making an entire bracket out of a very low conductivity
17 material. Titanium is a high-strength, low thermal
18 conductivity material. It has been identified.

19 That final solution probably won't come along for
20 several more tanks, maybe six or eight tanks. So we are
21 probably going to see an interim reduction in most of the
22 foam with a final solution of complete elimination of the

1 foam around these brackets coming six or eight tanks down
2 the road.

3 MR. BUCKINGHAM: Let's bring the microphone back
4 over here and go to Jay Barbree, down the aisle, third row.

5 QUESTIONER: Jay Barbree with NBC.

6 Wayne, I asked you about this the other day at
7 the roll-out. You're talking about the ice frost ramps,
8 and you get better pictures, I understand, the 2nd, 3rd, or
9 4th. You are going to visit that on the status 2-week
10 meeting.

11 How are you leaning? Are you leaning toward
12 going ahead and find -- if everything is ready, if you have
13 no problems, weather is good all on the 1st, are you
14 leaning to go with what you have at that time, or do you
15 feel that the lighting that you will get on the ice frost
16 ramps, it will be more important to take a chance to go
17 farther into the window?

18 MR. HALE: Good question, Jay. We have had our
19 photo analyst folks looking at the lighting on a day-by-day
20 basis.

21 One of the big inputs to that analysis is the
22 exact orientation of the tank, and as you know, when we

1 separate the Shuttle from the external tank, the tank is
2 uncontrolled at that point, and it generally has what we
3 call small tip-off rates or a little bit of roll, a little
4 bit of pitch rate, and the lighting can vary quite a lot
5 based on those very small angular rates that occur right
6 after separation.

7 Based on what we know today, there is no reason
8 not to launch on July the 1st. That is not an absolute
9 guarantee on any day, quite frankly, in the window, but you
10 might not have some shadows due to these tip-off rates.
11 But we think that the lighting is adequate on July 1st.

12 We are going to continue to review that data
13 because the exact position you are in depends on where the
14 International Space Station is, and as we get closer to
15 launch, we will get a better prediction of where the
16 International Space Station is and exactly how that affects
17 the launch window and the lighting.

18 So it is possible we might move a day or so, but
19 right now, I don't think that is going to happen.

20 QUESTIONER: If everything is ready, weather and
21 all of that, your inclination is to launch?

22 MR. HALE: Yes.

1 QUESTIONER: Thank you.

2 MR. BUCKINGHAM: Okay. Todd, right here, second
3 row.

4 QUESTIONER: Todd Halberson of Florida Today with
5 two, if I could.

6 Wayne, how many other areas of the tank still
7 could shed critical debris, and what are they?

8 MR. HALE: Oh, gosh. I should have brought the
9 whole list. We had a long list.

10 You know, part of the probability gain is we
11 looked at every piece of foam on the tank, and there are
12 some -- more than 300 -- manually applied areas of foam on
13 the external tank in addition to the robotically applied
14 acreage foam.

15 We tend to concentrate on those manual
16 applications, but there also was a considerable discussion
17 about that robotically applied acreage foam.

18 In a lot of these areas, we have never seen foam
19 come off in flight. So one might say, well, you shouldn't
20 worry about it or you don't need to worry about it.

21 However, that was the position that we had earlier on in
22 the program about concerning some of the releases that we

1 now are very concerned about. So we don't take that as
2 just because we haven't seen it before, you're never going
3 to see it as a good way to fly.

4 So, when we did probabilities for a lot of these
5 areas which we have never seen foam come off, the
6 statistical guys assumed a foam release, and they assumed a
7 foam release with a mass estimate that came from the
8 external tank team, and they put it at the worst possible
9 time and looked to see if you could transport down. When
10 you do that kind of probability analysis, again, make some
11 of these very severe assumptions, there are many areas on
12 the tank that potentially could cause critical damage.

13 Then you weight the whole analysis with do we
14 have an understanding of how foam comes off the tank. Yes,
15 we think we know four different potential mechanisms for
16 foam to come off the tank. They have different physical
17 applications. Do any of these apply to one of the areas
18 that could cause potentially bad things to happen if they
19 come off? Well, if so, then we are more worried about it.

20 Does the flight history say that we have ever seen a piece
21 come off in that area? Well, yes, then we're more worried
22 about it. So, if you rack all these things together and

1 you come up with a prioritized list of, I think, areas of
2 potential improvement to eliminate the potential for debris
3 release, that is going to keep us busy for a long time, and
4 that is why I say that we are on a road for continuous
5 improvement. We are trying to take those in a priority
6 order, eliminate the biggest hazards, and work our way on
7 down.

8 Let me give you an example. The foam that came
9 off that brought down Columbia was about 1.6 pounds, over a
10 pound and a half of foam. The foam that came off STS-114
11 that made us stand down these many months to eliminate that
12 hazard was about a 1-pound piece of foam. The largest
13 piece of foam that we've ever seen come off an ice frost
14 ramp is .09 pounds of foam.

15 Since potentially that is not the biggest piece
16 that could come off, the statistical boys did an analysis
17 for us, and they said you ought to consider that an ice
18 frost ramp could lose up to .2 pounds of foam. So that is
19 what, two or three times bigger? So, if you think about
20 it, .2 pounds is 3 ounces. Okay? It costs you less than a
21 buck to mail that letter down at the post office.

22 So we are working our way down the list of

1 potential debris sources to smaller and smaller releases,
2 and we are also looking at the areas where we think they
3 are more likely to release and working our way down the
4 list to the areas where they are least likely to release.
5 So, over time, we will continue to see foam come off, but
6 they will be smaller and smaller pieces, and they will be
7 less and less frequent, and, therefore, the risk and the
8 hazard goes down, and that's the approach we've got to
9 take.

10 QUESTIONER: A quick follow. I was curious about
11 your rationale for flying with the ice frost ramps. I thin
12 it was STS-112 where you had a foam loss from the bipod
13 that was fairly significant, and the approach at that time
14 was to incrementally and serially attack the problem before
15 you actually had a fix in place, and, of course, STS-107
16 came along.

17 What is different now that makes you feel
18 comfortable with the philosophical approach you are taking
19 now with fixing it down the line instead of now?

20 MR. HALE: Okay. Well, you know, if we had not
21 -- all right. Okay. Let me go one more time. If we had
22 not had to address the PAL ramp, which was a much larger

1 hazard, then we probably would be working on the ice frost
2 ramp, but, again, the principle here is in a flight test
3 vehicle where you make a major aerodynamic change, the
4 removal of the PAL ramp is the largest aerodynamic change
5 we have made to the Shuttle stack since we started flying
6 it. The principle is to make one change at a time.

7 We have addressed our biggest hazard. We have
8 removed it. We have provided instrumentation in the cable
9 tray to look at the aerodynamic forces in the brackets
10 after we removed the PAL ramp. We have added cameras to
11 look at how the tank is going to perform. We put all of
12 this instrumentation on it. We need to fly this vehicle to
13 make sure that we did the first change right, the PAL ramp
14 change, and then we can go address subsequent changes.

15 The other difference I think between now and then
16 is then we had no idea why foam was coming off the tank,
17 and now we have several years of very hard work in the
18 laboratory and with the tank that we brought down here and
19 tank twice, took back to the factory, and have literally
20 dissected the foam on that tank to understand the
21 mechanisms for foam to come off the tank. We have a much
22 better understanding of the mechanisms for foam release.

1 We were in the dark then. We may not be
2 perfectly in the light now, but we certainly know a whole
3 lot more than we did and can make a much better educated
4 estimate of a risk than we did then.

5 MR. BUCKINGHAM: Okay. Let's take a couple more
6 questions here. Then we are going to go to some of the
7 other centers.

8 Stefano?

9 QUESTIONER: Stefano Coledan, Time Magazine and
10 Popular Science.

11 I have two quick questions. I heard that there
12 are potential electrical problems in one or both boosters.

13 So this is a question for, I assume, Mr. Leinbach.

14 And for Mr. Hale, what is the material that the
15 conduit, the electrical conduit coming down the tank is
16 made of? What is the material?

17 MR. HALE: The actual electrical conductor?

18 QUESTIONER: The cable tray.

19 MR. HALE: The cable tray. Okay. I'm sorry.
20 You switched gears. I was about to give you the cable tray
21 on the solid rocket boosters, which is aluminum.

22 The cable tray on the external tank is aluminum,

1 but it is covered with what they call "super lightweight
2 ablator," SLA insulation to keep it from overheating and
3 hold it together during the reentry of the tank at certain
4 altitude.

5 MR. LEINBACH: Okay. And on the electrical
6 problem of the solid rocket booster, it is only on the
7 left-hand side. I would characterize it as a minor problem
8 at this point in time. It is a standard problem report
9 that we pick up during processing.

10 What we saw was a switch from one of our three
11 main buses, the power feeds to the booster itself. Friday
12 night switched from Bus B to Bus C, and internal to the
13 integrated electronics assembly, there is logic that
14 protects against faults, and so the box worked exactly as
15 it should, switched to the back-up bus, and we are out
16 there troubleshooting right now. The guys literally are at
17 the pad right now troubleshooting the problem. I don't see
18 this as a big issue at all. It is a problem report. We
19 will have it resolved as soon as we can.

20 We are holding as a constraint the booster
21 power-up because we don't want to power-up the solid rocket
22 booster with an unknown electrical problem. So, to me, it

1 is a standard processing issue that we will work our way
2 through. It is no big deal.

3 MR. BUCKINGHAM: Okay. Thank you.

4 Let's take one more question from Mike, and then
5 we will go to Headquarters for some questions there.

6 QUESTIONER: Hi. Mike Schneider, Associated
7 Press.

8 I was just wondering if you could go into a few
9 more details about the debris verification review, meetings
10 like how many people, talk, how many presentations there
11 were, and were there any dissenting voices who disagreed
12 that the risk was acceptable?

13 MR. HALE: Well, I am pleased to report that we
14 have a lot of dissenting voices.

15 [Laughter.]

16 MR. HALE: We had a very -- "contentious" is not
17 the right word -- "spirited" may be the right word --
18 discussion.

19 I think that Ralph Roe of the NASA Engineering
20 and Safety Center provided us a lot of very good thoughts.

21 We had a number of folks that were interested in
22 making sure we had good rationale at every step along the

1 way.

2 This review, I am trying to think. It is in our
3 new building over here, the OSB II, a beautiful place to
4 have a meeting. We probably had over a hundred engineers
5 from around the agency here today that had been working in
6 a variety of areas from the Kennedy Space Center, Marshall
7 Space Flight Center, Johnson Space Center, folks from
8 Langley, and other places around the agency. I know we had
9 some Headquarters folks. So we had a quite eclectic group
10 that was very interested in getting down to the nitty
11 gritty details of the engineering.

12 It is interesting to me, the engineers, as averse
13 to the English language as they are, were very concerned
14 about the exact words that we put in the report to make
15 sure we captured our concerns and testing and results
16 properly. So it was quite an exciting time for the last 2
17 days.

18 MR. BUCKINGHAM: Okay. Thank you, and I do
19 understand we have questions at Headquarters. So, at this
20 time, let's transition to Headquarters and take your
21 questions, please.

22 QUESTIONER: Warren Leary, New York Times, for

1 Wayne.

2 You mentioned the continued work on modifications
3 for the ice frost ramp. Does this mean you are going to
4 have a lot more wind tunnel testing, how much more, and
5 where will it be done?

6 MR. HALE: Good question. Yes, we will be
7 testing new proposed changes to ice frost ramp brackets and
8 any residual foam that is needed around those brackets. I
9 would expect that work will take place in probably the
10 Glenn Research Center tunnels as well as probably the
11 Arnold Engineering Tunnels up at Tullahoma. There is a
12 potential we may do some of that work at the Ames Research
13 Center as well.

14 The wind tunnels around the agency have been used
15 quite extensively in this pursuit of improving the external
16 tank. I expect we will continue to use them extensively,
17 and there will probably be multiple tunnels looking at
18 different aspects of the design.

19 There are even a couple of small tunnels -- well,
20 not small tunnels, but a couple of tunnels at Langley as
21 well as what they call a "hot gas facility" at Marshall
22 that will be involved in doing testing. That is in

1 addition to what we call the "cryogenic testing," which is
2 not a w individual tunnel, but it demonstrates how well our
3 design does in not forming ice, in other words, insulating
4 from the cryogenic fluid inside the tank to this metal
5 bracketry that hangs out in this nice warm humid Florida
6 air that we have down here.

7 QUESTIONER: Tracy Watson, USA Today, and forgive
8 me if you covered this in the first few minutes. I was a
9 little bit late.

10 Can you remind me which part of the TPS is of
11 concern for foam from the ice frost ramp? Is it RCC? Is
12 it tile?

13 And also, Mr. Hale, if you wouldn't mind, I would
14 love to get the range of estimates of probable damage from
15 those ice frost ramps. You said that the numbers depend on
16 the assumptions, and if you could tell me what kind of
17 range you came up with, that would be great.

18 Thanks.

19 MR. HALE: Okay. Let me see. The principal area
20 of concern is with tile damage. We looked at the size of
21 the releases that come off the ice frost ramp and the
22 debris transport, that is to say, the aerodynamics, and

1 they don't pose much of a threat, if any, to the reinforced
2 carbon wing leading edge.

3 The tile, however, further back on the vehicle
4 and depending on which ice frost ramp you are concerned
5 about can be damaged in ways that might require repair or
6 certainly would not allow it to have a full capability for
7 entry. Again, we are very conservative on that. If you
8 get a certain size damage for the purposes of this review,
9 we call it "unacceptable." Whether or not, in fact, we
10 could fly home with that is the subject of a really intense
11 set of analysis that would have to be done.

12 In terms of numbers, I have been through so many
13 numbers in the last day and a half. I'm having trouble
14 remembering. The number that sticks in my head, there are
15 a couple of numbers that stick in my head, and I hope I've
16 got these for the right case. With the very worst-case
17 assumptions, there were some numbers down as low as 1 in
18 75, and for some of the better case assumptions, we are
19 talking about numbers on the order of 1 in 400 for ice
20 frost ramp foam losses potential, but I think all of those
21 -- and I hope I am not saying this wrong because, again, we
22 have been through so many numbers, and I didn't bring the

1 whole package with me. Some of those assumed we had a
2 release, which is not always the case, as you know.

3 So, again, I hate to quote probability numbers
4 without the context because it depends so much on what the
5 assumptions were and how conservative or how fine the
6 calculations were that went into the case, but we are
7 talking, you know, basically -- I don't want to throw out a
8 whole bunch of numbers, but we are talking basically
9 something on the order of 1 in a few hundred or 1 in 100,
10 which is consistent with the entire overall risk we fly
11 with the Space Shuttle.

12 MR. BUCKINGHAM: Okay. Thank you.

13 I understand we have got questions now from
14 Johnson Space Center. So let's take those questions at
15 this time.

16 QUESTIONER: Thanks. Mark Carreau from the
17 Houston Chronicle. I have a couple of questions, and they
18 are both for Wayne Hale, and I will go one at a time.

19 Tell us what you expect to see in terms of launch
20 debris. I mean, if you could sort of spin this into a
21 positive -- well, an affirmative description, do you expect
22 to see less debris overall than you saw in 114 or simply

1 smaller pieces, but the same amount of debris?

2 MR. HALE: Well, we expect absolutely to see less
3 debris than we saw in 114. In terms of the debris, we have
4 eliminated the PAL ramp. So I don't expect to see any
5 1-pound pieces of foam coming off.

6 I would expect to see foam losses in the
7 less-than-a-tenth-pound range, several of those. We saw
8 about four on the feed-line camera that we saw at STS-114.

9 Given that we will have now seven cameras instead of the
10 one, I expect we might see seven times as many in that
11 small range.

12 When we look at the photography that is taken
13 post external tank separation -- and that is kind of the
14 final analysis, how did that tank do all the way through
15 the launch phase -- we can see hundreds, and I am not off
16 base here. It is hundreds of little white splotches, and
17 whether that means what we call "popcorn" or a little bit
18 of foam that eroded away that is clearly not a hazard or
19 whether it is something that we would call a "debris
20 release," you know, we are going to see a lot more of that
21 on these cameras.

22 That doesn't mean that our hazard is worse. That

1 just means we are going to have a better view of it.

2 So I expect that we will see, you know, on the
3 order of a dozen -- I will go out on a limb here -- small,
4 less-than-a-tenth-of-a-pound pieces of foam come off.
5 Those will probably be very visible in the cameras that we
6 will get.

7 We will still get the one live camera view from
8 the liquid oxygen line camera. The other six cameras on
9 the solid rocket boosters, they have to get the boosters
10 back in port, and we pull the recorder out, and we will
11 release those about 4 days after launch, 3 or 4 days after
12 launch.

13 So I expect we will see quite a lot, and no one
14 should go home saying that we are not going to see any foam
15 come off the tank. We have seen popcorn come off the
16 inner-tank region quite a bit, and that we have done -- we
17 expect that will continue to happen, and we do expect to
18 see small pieces come off the ice frost ramp.

19 I would be very surprised to see a large piece,
20 and that is kind of the purpose of this test flight is to
21 see what we've got.

22 QUESTIONER: I had a follow-up question. Is

1 there a point in terms of mission elapse time into the
2 lift-off where you are really in a vacuum, you are out of
3 the impact sort of danger point? At what point do you
4 calculate that to be, if you have that?

5 MR. HALE: Well, you know, interestingly enough,
6 Mark, we had a long discussion about that today.

7 Going into STS-114, we had said that 2 minutes
8 and 15 minutes, 135 seconds into flight, was the end of the
9 period at which we were concerned about aerodynamic
10 transport. The air pressure at that stage is -- you're up
11 about 200,000 feet. There isn't much air up there.

12 Our analysis folks went off and said, "Well, if
13 you released a 1-pound piece of foam, when would you no
14 longer have enough air to worry about it causing a
15 collision hazard with the orbiter?," and they came up with
16 166 seconds.

17 My discussion with them or the discussion that
18 occurred today is we really don't expect to see a 1-pound
19 piece of foam come off. If we did, I would be worried
20 about it anytime. So I am still stuck on 135 seconds,
21 although the engineering analysts are trying to talk us
22 into 166 seconds, and I don't remember the exact air

1 pressure at 166 seconds, but I do remember saying it was
2 four times lower than the almost nothing that you've got at
3 200,000 feet. So that is considerably lower air pressure
4 than you probably have in Houston today, Mark.

5 QUESTIONER: Gina Sunseri, ABC News, for Wayne.

6 Wayne, you said there are no show-stoppers, but
7 what are the hurdles that are still ahead before we reach
8 July 1st?

9 MR. HALE: Well, let's see. We've got a number
10 of processing things, and I'm sure Mike could give you a
11 long list. We are going to load the hypergolic propellants
12 for the reaction control system. There's still a number of
13 electrical checks and vehicle check-outs to do. So, I
14 mean, there's a list. There is a standard list of those
15 kind of things that all have to work properly before we go
16 to launch.

17 In terms of the management reviews, again, I
18 would say the big items is the -- what we call the "Design
19 Certification Review" for the external tank that we are
20 going to have next Wednesday. Actually, that is the final
21 management summary next Wednesday. It has already started,
22 and the important step there is to verify that the

1 structural analysis folks can demonstrate with the new
2 aerodynamic loads that the structure of the tank still
3 maintains its safety margins and is safe to fly. That is a
4 must-pass thing.

5 There may be there are other items at the Design
6 Certification Review that we are going to look at very
7 carefully that could cause problems if the analysis and
8 engineering review is not as we expect it to be. Then we
9 have the Flight Readiness Review where we go over all of
10 the things that have transported, all of the anomalies that
11 have been open since last week, including those that
12 occurred during flight, to make sure that we have done all
13 of our work properly, the design testing, the construction
14 of the particular piece parts on this vehicle, the new
15 things we have done on the orbiter, the changes we have
16 made there, everything from windows on down. All of those
17 reviews have to go properly.

18 Again, I foresee no show-stoppers, but there is a
19 lot of work that has got to be done in the next month to
20 make sure that we are safe to go fly.

21 MR. BUCKINGHAM: Okay. Thank you.

22 We do have some questions from Marshall. So

1 let's go there next, and we will wrap them up.

2 [No response.]

3 MR. BUCKINGHAM: Okay. Not hearing anything from
4 Marshall. All right. Shall we go to questions from
5 Headquarters then? I think we have a couple of extra
6 questions there, and then we will come back here to
7 Kennedy.

8 [No response.]

9 MR. BUCKINGHAM: All right. Well, I'll tell you
10 what we'll --

11 QUESTIONER: Guy Gugliotta from The Washington
12 Post for either Wayne or Mike.

13 I see you have 2 weeks of contingency. Have you
14 or could you reconsider having a tanking test, and if not,
15 why not?

16 MR. HALE: Do you want to take that?

17 MR. LEINBACH: I will be glad to take that one.

18 We decided over a month ago, probably 6 weeks or
19 so ago, not to do a tanking test, and so at that time, we
20 stopped all activities leading toward the tanking test. We
21 put the procedure development on hold. The team is not
22 preparing for a tanking test. We have no requirements for

1 one. So to do one now before launch is impossible, I would
2 say. So we are not planning on a tanking test anymore.
3 There is no reason to do one.

4 MR. HALE: Filling up the shuttle tank is not
5 like running to your local gas station and hooking up the
6 hose. It's a little more complicated.

7 QUESTIONER: I am the U.S. correspondent of the
8 German [inaudible].

9 I am interested in the time table for the launch
10 of the Columbus Space Lab which is the European part for
11 the ISS. The Columbus launch is scheduled as the seventh
12 or eighth flight from now for autumn 2007, and I would be
13 interested in how opportunistic you are that you can keep
14 to the time table because I understand that every setback
15 in the Space Shuttle Program would also affect the launch
16 of the Columbus Space Lab and this 880 million European
17 taxpayers' euros.

18 MR. HALE: I was extremely pleased to see the
19 arrival of the carrier aircraft yesterday with the Columbus
20 module. I think there is going to be a ceremony here
21 Friday welcoming it into the Space Shuttle -- Space Station
22 Processing Facility. We are anxious to come to the day

1 when we launch that magnificent laboratory to become part
2 of the International Space Station.

3 I personally am very optimistic we will launch
4 the Columbus module on the date that you mentioned. We
5 have looked out into the future of our production schedule,
6 for external tanks, and other things that we need, like
7 solid rocket motors, and barring any huge unforeseen
8 problem, I see no reason why we would not be able to launch
9 that exactly as we have scheduled. There seems to be
10 plenty of time to allow for the normal -- I call them
11 "normal" -- the minor day-to-day kind of things that we run
12 into. We have plenty of contingency. So I think that
13 launch will proceed exactly as we have scheduled it.

14 MR. BUCKINGHAM: Okay. Thank you.

15 I do think we are going to go back and try at
16 Marshall one more time. So let's take the questions from
17 Marshall, and then we will come back to Kennedy.

18 QUESTIONER: Good afternoon, gentlemen. Liz
19 Hurley, WASS in Huntsville.

20 This question is for Mike. Mike, tell us. You
21 said you've got guys out there on the launch pad trying to
22 troubleshoot the booster problem right now. Give us a

1 timeline on when you expect them to come to some
2 resolution. Will it impact your timeline at all?

3 And, Wayne, tell us about your redesign on the
4 ice pods as far as the Marshall Space Flight engineers.
5 You said you haven't gotten a good design yet. How far
6 along are they with that redesign?

7 MR. LEINBACH: Okay. I'll go first.

8 The guys are out there right now. Our plan says
9 we will give them tonight to troubleshoot. They have some,
10 what we call, "break-out boxes" on the electrical system to
11 send very, very small-current message signals through the
12 system to try to isolate the fault, wherever it may be. So
13 we will give them a couple more shifts, maybe a day to do
14 that.

15 We do want to get into our hypergolic loading for
16 the orbiter side, and that is planned to pick up tomorrow.

17 So, if we can't isolate the problem tonight, we are going
18 to probably decide to go into a hypergolic loading tomorrow
19 on the orbiter. That is about a 2-day job, and during
20 those 2 days, then, the electrical guys from the booster
21 side would be able to look at their data in more detail and
22 try to come up with the follow-on troubleshooting plan that

1 we would enact over the weekend, and so with the
2 contingency we have, I really don't see this as an issue
3 for us. We may rearrange a little bit of our schedule.

4 As I said, it is a constraint, the booster
5 power-up, that is our B power-up, and, therefore, we don't
6 want to load the hypergolics on board the booster, but we
7 have plenty of time to get into that later in the pad flow.

8 So we may rearrange a little it. I can't give
9 you a timeline, not knowing what the problem is. I can't
10 tell you how long it is going to take to fix, but trust me,
11 the guys are out there, and we have got the best in the
12 world working on it right now.

13 MR. HALE: Let me talk about the redesign of the
14 ice frost bracketry or, I should say, the protuberance
15 bracketry that are covered with the ice frost ramps for
16 just a second.

17 We have a really excellent team at the Marshall
18 Space Flight Center who is working very diligently on that.

19 We had a preliminary design which we took in the
20 wind tunnel about a month, 6 weeks ago. Unfortunately,
21 that design did not stand up to the aerodynamic forces that
22 those foam areas would see during launch, and they

1 continued, despite repeated modifications to shed small
2 pieces of foam, exactly what we don't want to have happen
3 in the wind tunnel.

4 We have now shifted gears to designs that
5 eliminate foam wherever possible by using other kinds of
6 insulating materials in them, in between the metal parts,
7 and the folks there at Marshall have been working with
8 their cryogenic facility to ensure that we can build a
9 design that won't grow ice. When we have that design
10 finalized -- and I think they are very close -- we will go
11 back into the wind tunnels.

12 Wind tunnels are difficult to schedule because
13 there are a lot of competing folks that like to do their
14 work or need to do their work in the few wind tunnels that
15 this Nation has. We are talking about supersonic wind
16 tunnels, and so we are working our way back into that
17 queue, and we expect to be back in the tunnels, testing
18 those new improved designs, in the next 6 to 8 weeks, and
19 following that, we will have a good -- I presume we will
20 have a good series of outcomes and have a good design that
21 we can then go implement in the factory.

22 So I am very pleased with the hard work that has

1 gone on in Huntsville, Alabama.

2 MR. BUCKINGHAM: Do we have more questions from
3 Marshall?

4 QUESTIONER: Yes. Patricia McCarter with the
5 Huntsville Times.

6 Assuming all goes well with STS-121, do you still
7 expect to have three Shuttle launches this year?

8 MR. HALE: I've got a very, very good answer to
9 that: Yes.

10 MR. BUCKINGHAM: All right. Well, that is last
11 question from Marshall. So let's bring it back here to
12 Kennedy, and we will take a handful more questions here.

13 Irene, you haven't had a question yet. Let's go
14 with you.

15 QUESTIONER: Thanks.

16 Wayne, I'd like to know if you have some
17 ball-park, current Return to Flight cost?

18 MR. HALE: You know, that's one I didn't come
19 with.

20 You know, there is Return to Flight Part One, and
21 now we've got Return to Flight Part Two. Most of our
22 Return to Flight Part Two, which is STS-114 to the present,

1 has been concentrated with the external tank, and as a
2 matter of fact, we have had quite a large expenditure down
3 in New Orleans with the factory from hurricane damage, and
4 we would have to split all of that out.

5 So the short answer is I don't have a good cost
6 estimate for you on all this redesign work because it is
7 wrapped up in the hurricane response as well, but we will
8 go do some research and see if we can.

9 That's a good question, and I should have had an
10 answer for you, Irene.

11 QUESTIONER: Also related to that, what kind of
12 flexibility do you have in budget and in schedule if you
13 need a third test flight or something doesn't go exactly as
14 planned on this mission?

15 MR. HALE: In terms of a third test flight, we
16 have already said we would like to get a third flight in
17 daylight conditions to make sure we still know what's going
18 on with the foam.

19 There really isn't a cost delta associated with a
20 third test flight, and the only schedule constraint is
21 really the lighting.

22 If we get ourselves off in August, September, or

1 even into October, we have good lighting windows for that.

2 So I really don't see much problem making -- I hesitate to
3 call it a "third test flight," although that's effectively
4 what it will be, to see how well we've done on the foam.

5 One of the things that we have yet ahead of us to
6 talk about is when we roll out the new bracket design for
7 the first time, the improvements to the ice frost ramp, do
8 we need to see those in daylight, and we haven't had that
9 discussion yet to see how they perform. That is a
10 discussion that we will have ahead of us, and I think that
11 may wind up being next spring.

12 MR. BUCKINGHAM: Let's see. Let's take it to the
13 front row, right here, try to get it around to folks who
14 haven't had a question yet, and then we will go around to
15 others.

16 QUESTIONER: Yes. Just wondering, foam work
17 aside, ice work aside, how would you characterize the work
18 that has happened on the in-flight repair techniques, and
19 how comfortable would you be in the event of -- obviously,
20 it would have to be fairly minor damage, but being able to
21 use what is going to be flying on this mission and be able
22 to fly home on it?

1 MR. HALE: You know, we've had really a full
2 court press on in-flight repair.

3 If you think about what the heat shield does,
4 first of all, it has got to way almost nothing because it
5 is big, and every tile weighs a quarter pound, something
6 like that. It is a very light, very lightweight material.

7 Mostly, it's nothing. It's got a little bit of fiber and
8 mostly nothing in between as an insulator, and it stands up
9 to 2,500, 2,800 degrees for half an hour. There are not
10 many materials in the world that can do that. So it is
11 2,800 degrees on one side and cool to the touch on the
12 other side. You know, my oven doesn't even do that.

13 [Laughter.]

14 MR. HALE: So, to say that we are going to now go
15 out in the vacuum of space where it alternates between 250
16 degrees above zero to 250 degrees below zero every 90
17 minutes and there is no gravity to kind of get stuff into a
18 depression or something, you know, it is almost impossible
19 to think about repairing that material.

20 I am pleased to report that we have four repair
21 techniques that have not certification-level capability,
22 but some good engineering basis in thinking that they will

1 work, and we are putting forward work for improvements as
2 well. So it's not a great capability. We have had people
3 working on it very hard for the past 3-1/2 years, and they
4 have really beaten the bushes and worked very, very, very
5 hard to give us the maximum capability that you can get.

6 We are going to continue to work on repair
7 capability for the life of the Shuttle program, and, you
8 know, in a way, it's a little sad because this reusable
9 surface insulation that we use in the orbiter, fabulous
10 stuff, does not have a home in the future program. Some
11 day, no doubt, we will come back to reusable thermal
12 protection systems, and the work we are doing today will
13 pay off for that generation as well, but right now we are
14 just working to get ourselves as much capability as we can
15 have for the life of the Shuttle Program, and perhaps it
16 will lead to greater things later on as well.

17 MR. BUCKINGHAM: Thank you.

18 Jay?

19 QUESTIONER: Mike, the way things are right now,
20 you are expecting to roll out Atlantis on July 25th, have
21 it ready for an August 28th launch. If you had to use it
22 on a rescue mission, where you are now in the flow -- say

1 anything, if you had to go to the Station or not to the
2 Station, you lose propulsion, any need -- how fast could
3 you get it off the ground on an emergency, on a rescue
4 mission, if something goes wrong with this launch?

5 MR. LEINBACH: That's a good question.

6 Our processing flow in the OPF is really based on
7 mission processing, and it turns out that the capability
8 the International Space Station has to support our crew in
9 the event of a rescue says that we can stay on that
10 processing schedule in the OPF. We can roll out on July
11 the 25th, whether it's for STS-115 or for a rescue mission.

12 So our plan in the OPF on paper right now doesn't change.

13 If we did run into a problem with launch of
14 STS-121, we would very much look at our processing flow in
15 the OPT and see if we could speed it up.

16 The capability on the International Space Station
17 says we don't have to do that. So we would probably stay
18 on the same schedule, get out to the launch pad per plan on
19 August the 1st, but then our pad flow changes. We would
20 launch in about 18 days for the rescue mission as opposed
21 to 28 days for the STS-115 mission itself. So we get off
22 the pad about 10 days earlier for the rescue than we do for

1 the mission.

2 QUESTIONER: [Inaudible.]

3 MR. LEINBACH: We can probably get out the OPF
4 faster than July 25th, but that is a very unusual case you
5 are proposing. I can't even go down that road.

6 MR. HALE: If you are talking about a crew
7 needing to be rescued that is not at the International
8 Space Station, that would be a very dire circumstance
9 indeed, and I don't think we have the capability to launch
10 a rescue mission within the lifetime of a crippled Shuttle
11 independent of the International Space Station.

12 QUESTIONER: [Inaudible.]

13 MR. HALE: Yes.

14 MR. LEINBACH: Yes.

15 MR. BUCKINGHAM: We are running a little short of
16 time. Let's take one more question. Then we will have to
17 wrap it up.

18 QUESTIONER: For Wayne, with two quick ones I'll
19 try to squeeze in before you wrap.

20 Can you look ahead to the Flight 116 and how the
21 tank stands for getting 115 off the ground with the Launch
22 on Need mission? You said earlier, I guess, you had to

1 take a week out of that flow or something to make that
2 happen.

3 And to go back to the probability, I'm not trying
4 to beat that to death because I don't understand
5 probabilities either, but did you guys do that this time
6 and that's not something you want to present to us, or did
7 you not make one of those matrixes that categorizes where
8 these threat levels are?

9 MR. HALE: Well, okay. Let me be real quick. We
10 did not baseline. As a matter of fact, we went the guys
11 back to do quite a bit of work on the matrix. So it is not
12 ready for us to sign off, much less release, today.

13 We did come to a really good understanding, but
14 there are a number of things that they needed to do. One
15 of the things that we wanted them to do was to show the
16 worst case on this threat. They had broken every potential
17 hazard into how does it affect the wing leading edge, RCC,
18 how does it affect average or acreage tile, how does it
19 affect the special tile that we have around the door seals,
20 and we said, okay, we don't need three different X's, if
21 you want to think about it on this matrix. We want one at
22 the worst, you know, what the worst affect is.

1 So they've got to go do that. We have had three
2 or four other, I would call, smaller organizational kind of
3 things that we want to do differently. So it is not ready
4 for sign-off. They are going to come back in about 2 weeks
5 to our program control board for what we call "baselining"
6 of that hazard report. At that time, it is in the public
7 venue, and we say this is what we got.

8 And your other question?

9 QUESTIONER: 116 and the tank.

10 MR. HALE: Oh, 116 and the tank. Yes. We do --
11 you know, before the accident, tank production was never a
12 pacing factor in Shuttle flights. I mean, the tank --
13 tanks were growing out of the assembly line in plenty of
14 time. We were always more concerned about getting the
15 orbiters turned around or other things, as pacing item and
16 the launch rate.

17 Following the accident and a better understanding
18 of how critical the foam is and the amount of hand-touch
19 labor that has got to go into making that foam right, so
20 that it stays on that tank as best as possible, has made
21 the external tank the pacing item, quite frankly, in our
22 launch rate.

1 So we are continuing to look at the processes
2 down at Michoud to see how we might streamline them.
3 Clearly, the pendulum has gone all the way over to taking
4 the maximum amount of care on every little thing. Some of
5 the questions we have to ask, are there some areas on the
6 tank, perhaps on the side away from the Orbiter, where we
7 don't have to take quite so much care, not that you want to
8 do a sloppy job by any stretch of the imagination, but
9 perhaps does not require the length of time that we are
10 putting in on the side that faces the orbiter.

11 So we are right now pressed to get that third
12 tank delivered to the schedule. We have about a week that
13 we need to take out of their proposed delivery schedule,
14 and the folks are looking very hard at what they can do
15 either by reviewing some of the processes, reviewing some
16 of the facility work that has gone on around the tanks, or
17 bringing in more people to help. So there is a number of
18 ways to get back that week or so before December, and we've
19 got a good management challenge in place to try to make
20 that happen, but if there is going to be a management
21 challenge -- and quite frankly, tank production is going to
22 be the pacing item for Shuttle launches through the end of

